

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

FAA - COMMERCIAL SPACE TRANSPORTATION
Public Meeting for the Draft Environmental
Assessment for the Huntsville International
Airport Reentry Site Operator License and Sierra
Space Corporation Vehicle Operator License,
Madison County, Huntsville, Alabama

Virtual Public Meeting
Thursday, December 9, 2021
6:00 p.m.

Job #42434
Page 1 - 43
Reported by Gary Euell

1 **PANELISTS IN ATTENDANCE VIA ZOOM:**

2 Amy Hanson

3 Butch Roberts

4 Christopher Allison

5 David Alberts

6 Emily Afifi

7 Emily Sisneros

8 Jennifer Fownes

9 Jennifer Piggott

10 Lee Jankowski

11 Lisa Bullard

12 Mary Swanstrom

13 Richard Tucker

14 Robert Greene

15 Ryan Gardner

16 Silvia Colla

17 Stacey Zee

18

19

20

21

22

1	C O N T E N T S	
2		PAGE
3	Virtual Public Meeting	4
4	Comment Period	30
5		
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		

1 P R O C E E D I N G S

2 MS. PIGGOTT: Good evening, ladies and
3 gentlemen. The time is 5 p.m. local time and we
4 will now start the Federal Aviation Administration
5 Office of Commercial Space Transportation or AST
6 Virtual Public Meeting for the Environmental
7 Assessment or EA for the Huntsville International
8 Airport Reentry Site Operator License and Sierra
9 Space Corporation Vehicle Operator License in
10 Huntsville, Alabama. Thank you everyone for
11 participating tonight.

12 My name is Jennifer Piggott, and I will
13 serve as your neutral facilitator this evening.
14 I'm with ICF, who is supporting the FAA as an
15 independent third party contractor. This virtual
16 public meeting is being recorded, transcribed, and
17 translated. I would like to call your attention
18 to the global icon at the bottom right of your
19 Zoom screen. If you click on this icon, you can
20 choose English or Spanish to ensure you are
21 listening to the meeting in your desired language.
22 Once you move to the Spanish room, we recommend

1 muting the original audio so you only hear the
2 meeting in your desired language. I will now
3 pause for our translator to come out of the
4 Spanish room into the English room to make this
5 announcement.

6 Thank you. If you need assistance with
7 Zoom during the meeting, you can use the chat
8 feature located at the bottom of your screen to
9 message the meeting host. We appreciate your
10 participation in this virtual public meeting. We
11 would much rather be with you in person, but with
12 the current conditions we want to provide all the
13 information we can while protecting everyone's
14 health. We're going to conduct this as closely as
15 possible to a typical in person public meeting.
16 Please make a note of the phone number for this
17 meeting. The phone number is 833-548-0276,
18 meeting ID 85032175874, password 8695227. If you
19 experience difficulty with your internet
20 connection at any point during this meeting, you
21 can call this number to listen to the meeting.
22 Additionally, individual internet connections and

1 bandwidth may impact your viewing experience this
2 evening. We recommend closing all apps and
3 programs and limiting other streaming or downloads
4 during this meeting.

5 Finally, we're running this meeting using
6 Zoom webinar, which mutes all participants and
7 restricts video feeds. Only the meeting host can
8 unmute you.

9 We will conduct the virtual public
10 meeting in two parts. First AST will provide a
11 presentation in English, which will be translated
12 simultaneously in the Spanish room. A copy of the
13 Spanish presentation can be found on the project
14 websites, and I will put that website right now
15 into the chat feed. So, a copy of that
16 presentation can be found on the project website
17 and that link is now in the chat feed. Then we
18 will conduct a facilitated comment session where
19 interested parties can provide oral comments for
20 the record. We will not host a question and
21 answer session during the meeting. Please submit
22 comments by the close of the comment period, which

1 is December 22, 2021. We invite you to submit
2 comments orally at tonight's meeting
3 electronically via the project E-mail address,
4 which is Huntsvillereentry@ICF.com. I will also
5 paste that in the chat feed so you have it, or you
6 can mail your comments to Miss Stacey Zee, HSV
7 Draft EA, care of ICF, 9300 Lee Highway, Fairfax,
8 Virginia 22031.

9 Additionally, tonight's presentation is
10 already available in both English and Spanish on
11 the project website. And again, that link is on
12 your screen and it's also in the chat feed.

13 I would now like to go over a few ground
14 rules for tonight's meeting. Please remember this
15 meeting is being recorded, so please no
16 inappropriate language or comments. When we get
17 to the comment section of tonight's meeting, I
18 will call on pre-registered commenters first in
19 the order in which they registered, followed by
20 other commenters that indicate they'd like to make
21 a comment this evening. We will receive as many
22 comments as time allows. If you're not called on

1 to provide an oral comment today, you may provide
2 your comment electronically or in writing. All
3 comments, regardless of how they are received, are
4 weighted equally. Again, we will make every
5 effort to receive as many oral comments as
6 possible during tonight's meeting.

7 We appreciate the chance to share the
8 proposed project and environmental process with
9 all of you. We wish we could be together in
10 person but we're glad to come together virtually.
11 Again, the purpose of this virtual public meeting
12 is to share information about the Draft
13 Environmental Assessment, provide information on
14 how to provide comments, and to receive oral
15 comments.

16 I would now like to introduce Miss Stacey
17 Zee with AST, and Stacey will introduce other FAA,
18 Sierra Space, and Huntsville team members with us
19 this evening. Stacey.

20 MS. ZEE: Thank you, Jennifer. As
21 Jennifer noted, I'm Stacey Zee. I am the
22 stakeholder engagement lead for the FAA office of

1 Commercial Space Transportation. Thanks all for
2 participating tonight and we are very excited to
3 share the information with you tonight. With us
4 tonight from AST, we have Amy Hanson, Emily
5 Sisneros and Emily Afifi. From Sierra Space, we
6 have Christopher Allison. And then from
7 Huntsville, we have Mary Swanstrom, Butch Roberts,
8 Lee Jankowski, Lisa Bullard, Dave Alberts, and
9 Richard Tucker.

10 Again, thank you for being with us this
11 evening. And Jennifer, back to you.

12 MS. PIGGOTT: Thanks, Stacey. Okay,
13 ladies and gentlemen, without further ado, we will
14 go ahead and transition into our presentation.
15 The presentation this evening is about 20 to 25
16 minutes long.

17 Hi, my name is Stacy Zee, and I'm an
18 environmental protection specialist and the
19 stakeholder engagement lead with the FAA's office
20 of Commercial Space Transportation. I, along with
21 Emily Afifi, Emily Sisneros, and Amy Hanson, will
22 explain the FAA's licensing process and the Draft

1 Environmental Assessment referred to as the draft
2 EA for the Proposed Reentry Operations at the
3 Huntsville International Airport in Madison
4 County, Alabama. Huntsville International Airport
5 and Sierra Space will also present materials.
6 After the presentation, you will have the
7 opportunity to provide oral comments on the
8 potential environmental issues outlined in the
9 Draft EA.

10 Now I'm going to hand over the
11 presentation to Amy Hanson to describe why we are
12 holding the public meeting today.

13 MS. HANSON: We are holding this public
14 meeting because the Huntsville Madison County
15 Airport Authority, or Authority, and Sierra Space
16 Corporation or Sierra Space, are proposing to
17 conduct Commercial Space Reentry Operations at
18 Huntsville International Airport or HSV.

19 Huntsville Madison County Airport
20 Authority is applying to the FAA for a Reentry
21 Site Operator License and Sierra Space is applying
22 for a Vehicle Operator License to Reenter to the

1 airport. The National Environmental Policy Act or
2 NEPA, requires the FAA to analyze the potential
3 environmental impacts of our proposed licensing
4 action. The FAA is the lead Federal Agency for
5 the EA. There are two cooperating agencies who
6 are included due to special expertise and or
7 jurisdictions. NASA has space launch special
8 expertise, and the US Coast Guard provides
9 maritime safety and security expertise during
10 launch operations. As part of the licensing
11 process, the FAA is analyzing the potential
12 environmental impacts under NEPA for this proposed
13 action and is collecting comments on the
14 Draft EA. The environmental process is only one
15 part of the licensing process.

16 Now, I'm going to hand over the
17 presentation to Emily Afifi to describe the FAA
18 licensing process for Reentry Site Operators and
19 Reentry Vehicle Operators.

20 MS. AFIFI: This and the next slide show
21 the FAA's process for reviewing a Reentry Site
22 Operator License Application and a Vehicle

1 Operator License Application. The process can
2 occur over a period of months or years, depending
3 on the applicant's proposed operation and it
4 begins with preapplication consultation.

5 Preapplication consultation is the part
6 of the process where the FAA starts coordination
7 with the applicant on the proposed operation.

8 Once the FAA has accepted a license application,
9 the formal evaluation period begins. During this
10 part of the process, the FAA conducts reviews on
11 safety, environmental, airspace, and waterway
12 integration, policy, and flight location aspects
13 of the application. The environmental review will
14 be discussed in more detail shortly.

15 Upon completion of the evaluation, if the
16 FAA makes a positive determination and grants an
17 authorization, the next part of the process is an
18 operational phase, which includes compliance
19 monitoring and safety inspection of the operator's
20 licensed activities. An authorization for a
21 Reentry Site Operator License is valid for five
22 years from the issuance date. A licensee can

1 renew the license by submitting an application to
2 the FAA.

3 The authority's application for the
4 proposed operations at Huntsville International
5 Airport is currently in the evaluation phase of
6 the licensing process with the FAA.

7 The FAA's process for reviewing a Vehicle
8 Operator License Application is very similar to
9 the process for reviewing a Reentry Site Operator
10 License Application. There are a few additional
11 items required during the evaluation period for a
12 Vehicle Operator, including the payload review and
13 financial responsibility. An authorization for a
14 Vehicle Operator License is valid for the length
15 of time of the licensed activity but may not
16 exceed five years from the issuance date. A
17 licensee can renew the license by submitting an
18 application to the FAA.

19 Sierra Space's application for the
20 proposed operations at Huntsville International
21 Airport is currently in the preapplication phase
22 of the licensing process with FAA.

1 Now, I'm going to hand over the
2 presentation to Amy Hanson to give the proposed
3 project overview.

4 MS. HANSON: The Authority is proposing
5 to operate a Commercial Space Reentry Site at the
6 Huntsville International Airport. And Sierra
7 Space is proposing to conduct reentries using its
8 Dream Chaser vehicle at HSV. Sierra Space and the
9 Authority anticipate up to one reentry operation
10 at HSV per year in 2023, 2024, and 2025, up to two
11 reentries in 2026, and up to three reentries in
12 2027. Reentry of the Dream Chaser would occur
13 during the daytime or nighttime, depending on the
14 mission.

15 Now, I'm going to hand over the
16 presentation to Mary Swanstrom with Huntsville
17 International Airport Authority to describe their
18 proposed operations.

19 MS. SWANSTROM: Proposed reentry
20 operations would occur at runway 18036R, circled
21 in blue in the aerial image of HSV. As Reentry
22 Vehicle Operations would be confined to this area,

1 the blue line also marks the proposed reentry site
2 boundary. During the reentry operation, both
3 runways could be closed for a temporary flight
4 restriction window of forty-five minutes. The
5 vehicle would remain on the runway for up to ten
6 hours while cargo and residual propellants are
7 removed. There is no construction proposed to
8 support the reentry operations and no permanent
9 storage or propellants on site.

10 Now, I'm going to hand over the
11 presentation to Christopher Allison of Sierra
12 Space to provide information on the Dream Chaser
13 vehicle, NASA Commercial Resupply Services 2
14 Program, reentry trajectories, and flight path.

15 MR. ALLISON: Sierra Space is
16 developing the Dream Chaser, a reusable reentry
17 vehicle capable of carrying payloads to and from
18 low earth orbit, including delivering supplies to
19 the International Space Station under the
20 Commercial Resupply Services to CRS2 contract with
21 the National Aeronautics and Space Administration
22 also known as NASA. The Dream Chaser is currently

1 the only runway landing commercial orbital space
2 vehicle in development. It will use nontoxic
3 propulsion for orbital translations, attitude
4 control, and deorbit. It is designed to launch in
5 a variety of launch vehicles and is on contract
6 for the NASA Cargo Supply Services to CRS2
7 Program.

8 The image shows Sierra Space's proposed
9 operations. The Dream Chaser vehicle would be
10 carried as a payload on a vertically launched
11 United Launch Alliance Vulcan rocket from Cape
12 Canaveral in Florida. Note, the launch will not
13 occur in Huntsville and will be licensed separate
14 from the action being proposed in this meeting.
15 Sierra Space proposes that the Dream Chaser
16 vehicle would deliver up to 5,500 kilograms of
17 pressurized and unpressurized cargo to the
18 International Space Station. Sierra Space would
19 dispose of materials from the International Space
20 Station over the broad open ocean via a cargo
21 module that will separate from Dream Chaser and
22 burn up safely in the Earth's atmosphere upon

1 reentry. Any surviving debris would be
2 intentionally placed in the remote part of the
3 Pacific Ocean. The Dream Chaser portion of the
4 system will return to a runway, where cargo and
5 other items returned will be offloaded.

6 Some key terms used when describing the
7 reentry of Dream Chaser are defined on this chart.
8 Reentries can either be considered on ascending or
9 descending trajectories as described in the image.
10 Ascending is when the relative motion of the
11 ground track projected by the orbiting vehicle is
12 moving in an upward direction relative to the
13 landing site. Descending is a downward motion
14 relative to the landing site. For the proposed
15 reentry to Huntsville, this action only considers
16 ascending trajectories. Further, the distance
17 between the ground track of the orbiting vehicle
18 and the landing site when perpendicular to the
19 landing site is referred to as cross range. Dream
20 Chaser has a greater than 1,000 nautical mile
21 cross range capability, meaning the vehicle does
22 not have to be perfectly aligned to cross over the

1 landing site to successfully perform a reentry and
2 landing. This results in an increased number of
3 reentry opportunities on a given mission. The
4 Dream Chaser vehicle's reentry trajectory from
5 orbit would be dependent on the specific mission
6 being flown and would be defined prior to reentry.
7 During the reentry sequence, Dream Chaser would
8 have set reentry windows or timeframes to begin
9 descent into the Earth's atmosphere to meet the
10 designated reentry trajectory. Assuming no-go
11 criteria are met, the Dream Chaser vehicle would
12 remain in orbit until the specific reentry
13 trajectory could be achieved or an alternate
14 trajectory is called upon.

15 The reentry vehicle would reenter from
16 the south on an ascending trajectory with high
17 atmospheric overflight of the southwestern US or
18 Central American countries before landing at
19 Huntsville. The two trajectories shown on this
20 chart show the bounding cross range trajectories
21 the Dream Chaser can fly to successfully land at
22 Huntsville. Additional trajectories could exist

1 between the two depicted here given mission
2 specific parameters.

3 The reentry vehicle would remain above
4 60,000 feet altitude above mean sea level for the
5 majority of the overflight of Texas, Arkansas,
6 Louisiana, Mississippi, and Alabama. The reentry
7 vehicle would descend below 60,000 feet altitude
8 above mean sea level approximately 10 to 20 miles
9 from Huntsville prior to landing and would operate
10 below 60,000 feet above mean sea level for about
11 three to four minutes.

12 Now, I'm going to hand over the
13 presentation to Emily Sisneros to describe the
14 airspace closures process.

15 MS. SISNEROS: Airspace Closures. Sierra
16 Space will coordinate airspace closures for each
17 reentry operation with the FAA Air Traffic
18 Organization, the FAA Office of Airports,
19 Huntsville, any affected military organizations
20 including the United States Coast Guard and
21 impacted foreign air navigation service providers.
22 All notification and coordination procedures will

1 be outlined in letters of agreement. Operation
2 activities coordination by the same parties would
3 occur on a weekly and daily basis closer to the
4 reentry and landing at the airport. The FAA does
5 not anticipate altering the dimensions of the
6 airspace. The FAA would issue temporary flight
7 restrictions via a notice to air mission, also
8 referred to as a NOTAM for the reentry vehicles
9 operation and the controlled airspace or an
10 altitude reservation from the central altitude
11 reservation function, as described in Sierra
12 Space's letter of agreement with the FAA Air
13 Traffic Organization.

14 Airspace jurisdiction of the proposed
15 Dream Chaser flight path is controlled by both
16 Memphis and Atlanta Air Route Traffic Control
17 Centers. The extent of the airspace needed for
18 each reentry will depend on the trajectory and
19 associated aircraft hazard area, which will be
20 determined in the flight safety analysis. A
21 nominal reentry to Huntsville is anticipated to
22 require a NOTAM lasting one hour. Aircraft would

1 be rerouted around the NOTAM airspace closure.
2 Aircraft traveling on existing routes and flight
3 paths that are used daily are often routinely
4 rerouted to account for weather and other
5 temporary restrictions. Also, not all proposed
6 reentry operations would affect the same aircraft
7 routes or the same airports, and rerouting
8 associated with the proposed reentry related
9 closures represents an extremely small fraction of
10 the total amount of rerouting that occurs from all
11 of the reasons in a given year.

12 This image shows the representative
13 aircraft Hazard Area generated for the plus or
14 minus 570 nautical mile cross range aircraft
15 hazard area and a potential NOTAM. Seasonal
16 considerations such as wind or operational
17 changes, such as changes in the payloads being
18 carried back from orbit, could further result in
19 slight alterations of the nominal deorbit
20 opportunity trajectory to the airport.

21 Now I'm going to hand over the
22 presentation to Amy Hanson to describe the sonic

1 boom for reentry operations.

2 MS. HANSON: During reentry, the Dream
3 Chaser vehicle would generate a sonic boom. This
4 slide shows the area that would be potentially
5 affected by the sonic boom with the blue line
6 circling the area with Sonic Boom overpressure
7 levels of one pound per square foot or PSF. The
8 maximum peak sonic boom overpressure would be 1.25
9 PSF, a magnitude similar to a clap of thunder.
10 The study area defined by the sonic boom, as shown
11 in this slide, encompasses about 170 square miles
12 and includes portions of Morgan and Coleman
13 counties and the cities or towns of Hartsell,
14 Falkville, and Somerville, Alabama. The red line
15 in the upper right hand corner shows the reentry
16 site boundary at Huntsville International Airport.

17 Now I'm going to hand over the
18 presentation to Mary Swanstrom with Huntsville
19 International Airport Authority to describe runway
20 closures at the airport.

21 MS. SWANSTROM: A temporary flight
22 restriction issued by the FAA would temporarily

1 close both runways at HSV, runway 18L36R and
2 runway 18R36L to aircraft and vehicle ground
3 movements prior to landing. After Dream Chaser's
4 wheel stop, all traffic would be accommodated on
5 the airport's primary runway, runway 18R36L.
6 Runway 18L36R would remain unavailable for use by
7 other correct aircraft for landing and departures
8 until it is removed from the runway. This period
9 of time would vary given the operational
10 characteristics of each individual mission. While
11 Dream Chaser is on runway 18L36R and propellant-
12 saving activities are occurring, aircraft and
13 vehicle movements would be restricted until the
14 vehicle is in a safe condition and removed from
15 the runway.

16 The Dream Chaser's licensed operation
17 would end when the vehicle is in a safe condition
18 as defined in Sierra Spaces Vehicle Operators
19 License. Runway 18L36R would be returned to
20 service at R plus eight hours. Airport operations
21 would conduct inspections for each runway to
22 ensure they are safe for the resumption of

1 traffic, including verifying that the runways are
2 free from foreign objects and debris or damage.

3 Now I'm going to hand over the
4 presentation to Amy Hanson to describe the
5 environmental impacts analyzed in in the
6 Environmental Assessment Process.

7 MS. HANSON: This slide lists the
8 environmental impact categories that are analyzed
9 in detail in the Draft EA. The following slides
10 present a high-level summary of some of the impact
11 categories. Please refer to the Draft EA for a
12 full discussion of environmental consequences
13 determinations.

14 Noise impacts include increased sound
15 levels from reentry operations in the form of
16 sonic booms. Predicted overpressure levels for
17 reentry remodeled to be 1.25 pounds per square
18 foot, or PSF. The study area for potential
19 impacts to environmental resources was defined as
20 the area experiencing 1 PSF or greater sonic boom
21 overpressures. Overpressure from each sonic boom
22 resulting from proposed Dream Chaser reentry

1 operations would be similar to the overpressure
2 from a clap of thunder. Data from the National
3 Oceanic and Atmospheric Administration or NOAA
4 show their residents in Morgan County experience
5 on average, about 8,000 thunder events caused by
6 lightning. So, the sonic booms would not be
7 unusual noise levels. Cumulative noise in the
8 surrounding communities from one to three reentry
9 operations annually is estimated to be below
10 levels associated with adverse noise exposure in
11 the FAA regulations.

12 The proposed action would not include
13 construction, and therefore no ground disturbing
14 activities that could impact biological resources
15 would occur. Sonic Booms resulting from proposed
16 reentry have the potential to affect species.
17 There are a number of federally and/or state
18 listed threatened and endangered species within
19 the sonic boom study area. But no critical
20 habitat is designated for wildlife species in the
21 study area. Animals generally do not experience
22 lasting adverse effects to sonic booms with low

1 overpressures such as would occur as a result from
2 the proposed reentry operations. While there is
3 the potential for reentry operations to result in
4 wildlife strikes, the very small number of
5 proposed reentry operations per year would not
6 significantly increase the chance of a wildlife
7 strike at HSV. As a result, the FAA has
8 determined the proposed action may affect, but
9 would not significantly affect, species listed
10 under and critical habitat designated under the
11 Federal Endangered Species Act. The FAA is
12 consulting with the US Fish and Wildlife Service
13 on this finding.

14 There is the potential for the sonic
15 booms produced during reentry to alter the visual
16 or audible characteristics or settings of historic
17 properties. However, given the low number and low
18 overpressure levels of the sonic booms, reentry
19 operations are not anticipated to alter the
20 characteristics of the historic properties found
21 in the sonic boom study area. Sonic Booms also
22 have the potential to cause structural damage to

1 historic properties but generally at higher
2 overpressure levels, 2 PSF and above, than those
3 that would result from the proposed reentry
4 operations. Therefore, the proposed action is not
5 expected to have adverse effects on historic
6 properties. The FAA has made a finding of no
7 adverse effect for historic properties and is
8 currently conducting National Historic
9 Preservation Act, Section 106 consultation with
10 the State Historic Preservation Officer and other
11 consulting parties. The FAA is also conducting
12 government to government and Section 106
13 consultation with Native American tribes.

14 Section 4(f) of the US DOT Act of 1966
15 protects significant publicly owned parks,
16 recreational areas, wildlife and waterfowl
17 refuges, and public and private historic sites.
18 Section 4(f) provides that the Secretary of
19 Transportation may not approve a transportation
20 program or project requiring the use of publicly
21 owned land of a public park, recreation area, or
22 wildlife or waterfowl refuge of national, state,

1 or local significance, or land of a historic site
2 of national, state, or local significance unless
3 there is no feasible and prudent alternative to
4 the use of that land and the program or project
5 includes all possible planning to minimize harm
6 resulting from the use. Properties potentially
7 eligible for protection under Section 4(f) in the
8 sonic boom study area include the Tennessee Valley
9 Authority Wheeler Reservoir, the Wheeler National
10 Wildlife Refuge, and the federally listed historic
11 properties discussed on the previous slide.

12 Reentry operations would not result in a
13 permanent incorporation or physical use of any
14 Section 4(f) property. There is the potential for
15 noise impacts of sonic booms to result in the
16 constructive use of Section 4(f) properties in the
17 study area, but only if a property's intended use
18 or attributes are significantly impaired. While
19 some properties in the sonic boom study area could
20 be sensitive to new sources of noise, the low
21 frequency and magnitude of the sonic booms would
22 not significantly impair those resources. As a

1 result, the FAA has made a preliminary
2 determination that the proposed action would not
3 result in a constructive use of Section 4(f)
4 properties and is currently consulting with the
5 Tennessee Valley Authority, US Fish and Wildlife
6 Service, and the Alabama State Historic
7 Preservation Officer.

8 Now I'm going to hand over the
9 presentation to Stacey Zee to provide information
10 on the EA and Stakeholder Engagement Schedule and
11 comments on the Draft EA.

12 MS. ZEE: This slide outlines the EA
13 schedule and how you can remain involved in the
14 NEPA process. The FAA carried out coordination
15 with state and federal agencies throughout
16 preparation of the Draft EA. The FAA also
17 initiated agency consultation with federal and
18 state resource agencies, such as the US Fish and
19 Wildlife Service and Alabama State Historic
20 Preservation Officer. We are currently in step 4
21 of the EA schedule.

22 The Draft EA was published on November

1 12th with a forty-day comment period. Today is
2 the Draft EA public meeting, and the comment
3 period closes on December 22nd.

4 The next step is for the FAA to publish
5 the final EA, which will incorporate public
6 comments received on the Draft EA. It will also
7 include a finding on the proposed action, either a
8 finding of no significant impact, a mitigated
9 finding of no significant impact, or a notice of
10 intent to prepare an environmental impact
11 statement. Comments on the Draft EA can be
12 submitted either by E-mail or mail to the
13 addresses on the slide. We ask the comments be
14 submitted by Wednesday, December 22nd to ensure
15 that they are considered in the development of the
16 final EA. Before including personal identifying
17 information in your comment, be advised that your
18 entire comment may be made publicly available at
19 any time. While you can ask us in your comment to
20 withhold from public review your personal
21 identifying information, we cannot guarantee that
22 we will be able to do so.

1 The Draft EAA is available on the FAA's
2 website at the link provided on the slide. The
3 FAA's website also includes a place to sign up for
4 the project mailing list. Members of that mailing
5 list will receive project updates, including
6 notification of the FAA publishing the final EA
7 and the FAA's finding. The remaining portion of
8 tonight's meeting is reserved for providing oral
9 comments. Jennifer will explain the process.

10 MS. PIGGOTT: Okay. Thank you for that
11 presentation and information.

12 We've now reached the second part of the
13 virtual public meeting, a facilitated comment
14 session. If you would like to make an oral
15 comment, please send a chat message to the meeting
16 host or raise your hand using the hand raise icon
17 if you're on Zoom or for call-in only users, press
18 *9 to raise your hand and I will add you to the
19 commentor list. I will call on you in the order
20 in which you raise your hand with preregistered
21 speakers being called on first. I will now paste
22 the names of the first three speakers in the chat

1 box.

2 Please raise your hand to indicate you're
3 ready to make your comment if your name has been
4 placed in the chat box. The first three speakers
5 are Liz Hurley, Ben Harrison, and Paul Mamakos. I
6 apologize if I mispronounce anyone's name this
7 evening. Each commoner will have three minutes to
8 make their comments. At the start of your
9 comments, please state your full name for the
10 record. Again, we are not hosting a question and
11 answer session this evening.

12 Again, our first speaker is Liz Hurley,
13 and I am not seeing Liz on the Zoom feed this
14 evening. Liz, if you're a call-in only user,
15 please press *9 to raise your hand.

16 Our next speaker -- okay. I see your
17 note. He has just let me know that they will not
18 be providing a comment tonight. Our third speaker
19 is Paul Mamakos. Paul, I'm also not seeing you on
20 the Zoom feed this evening. If you're a call-in
21 only user, please press *9 to raise your hand.

22 Okay with that, I'll post the names of

1 our next three speakers in the chat feed, which
2 are Mark Spencer, Raymond Wesley, and Rob Martin.
3 If you would please raise your hand to indicate
4 that you're ready to provide your comments. Mark
5 Spencer, Raymond Wesley, and Rob Martin. Mark, I
6 see your hand is raised. I'm going to ask you to
7 unmute.

8 MR. SPENCER: My name is Mark Spencer.
9 I'm the founder of Evolution.

10 MS. PIGGOTT: So, Mark, can you hear me?
11 I'm going to pause you there. If you could turn
12 maybe your volume down a little bit. We're
13 getting a lot of echo.

14 MR. SPENCER: Okay, is that better?

15 MS. PIGGOTT: Yeah, much better. Go
16 ahead. You have three minutes.

17 MR. SPENCER: Okay. My name is Mark
18 Spencer. I'm the founder of Evolution, an
19 avionics technology company based at the
20 Huntsville International Airport. I use the
21 airport both in operating my own aircraft as well
22 as flying commercially. I live in Madison, about

1 a 15 minute drive from the airport. My comments
2 represent my own views and not necessarily those
3 of any company. I wish to speak today in support
4 of the effort to support landing of space vehicles
5 and specifically in support of providing
6 Huntsville International Airport a Reentry Site
7 Operator License and Sierra Space Corporation a
8 Vehicle Operator License in order to allow the
9 Dream Chaser -- Dream Chaser to land at HSV.

10 The Huntsville community, of course, has
11 a long history of supporting advanced spaceflight
12 and other aerospace technologies and is fortunate
13 to have an airport with two long runways and
14 advanced safety resources, including crash fire
15 response, and all that within a vast physical
16 airfield area. I believe that the unique traits
17 of the Huntsville Airport, which include a balance
18 of fantastic airfield resources, a level of
19 traffic that can accommodate the expected
20 disruption of having a spacecraft landing, plus a
21 population that is disproportionately supportive
22 of space endeavors and tolerant of the occasional

1 loud noise compared to other cities, makes it
2 especially well-suited to this venture.

3 With all the support, however, I do
4 request that the FAA use caution when issuing
5 limitations for both Huntsville International
6 Airport and Sierra Space Corporation's respective
7 operator licenses to ensure their operations are
8 only permitted when taxiways Foxtrot and Juliet
9 and both runways are fully operational at HSV.
10 The landing of a spacecraft will shut down a
11 runway for an extended period of time, even in the
12 case of a nominal landing, and potentially can
13 shut it down for much longer in the case of an off
14 nominal landing. And then also some historical
15 NOTAM data shows that the Huntsville International
16 Airport has only had both its runways operational
17 for less than half the days of the last 12 years.
18 Permitting the airport to land the spacecraft when
19 only one runway is operational is likely to change
20 the balance of impact for the airport's other
21 users, including commercial passengers, air
22 ambulance flights, and military and general

1 aviation aircraft and should not be permitted
2 under the operator licenses.

3 Thank you for the opportunity to provide
4 comments and I look forward to the opportunity to
5 see Dream Chaser land at Huntsville.

6 MS. PIGGOTT: Thank you for your
7 comments. Okay, our next speaker is Rob Martin.
8 If you're ready to make your comments, please
9 raise your hand.

10 Okay, with that I'll post the names of
11 our final two preregistered speakers in the chat
12 feed. Our final two speakers -- hold on one
13 second. Rob, I see your hand is raised. I'm
14 going to ask you to unmute.

15 MR. MARTIN: Can you hear me okay?

16 MS. PIGGOTT: Yes, go ahead. You have
17 three minutes.

18 MR. MARTIN: Very well. I'm Rob Martin.
19 I'm a retired aerospace engineer living in Muscle
20 Shoals, Alabama, have used Huntsville
21 International Airport many times, and it's a
22 terrific facility, and we love going in and out of

1 the airport on trips or whatever. My concern, not
2 really a concern, but just a question about the
3 propellants that are going to be used on Dream
4 Chaser. Normally those propellants on orbit are
5 highly toxic and need lots of unstowing and safety
6 procedures to safely unload those propellants once
7 the spacecraft has landed. And I noticed in the
8 beginning of the briefing that no facilities are
9 planned to be built, nor is there any safety on
10 offloads of any of these propellants, it's
11 supposedly nontoxic. I was just a little
12 surprised at that and wondered what type of
13 propellant they're going to be using and also if
14 they're bringing spacecraft back from orbit,
15 ensuring that those propellants are nontoxic as
16 well. So that concludes my comments.

17 MS. PIGGOTT: Thank you for your
18 comments.

19 Okay, our next two speakers I posted in
20 the chat feed Melba Ochoa and Caroline Klapp. If
21 you would please raise your hand or if you're a
22 call-in only user, press *9 to raise your hand so

1 I can ask you unmute and you can provide your
2 comment. Melba Ochoa and Caroline Klapp. Okay, I
3 see your note in the chat feed, that you will not
4 be providing a comment this evening.

5 Okay, ladies and gentlemen, those are all
6 of the folks that preregistered to provide an oral
7 comment this evening. So, I'll now open the floor
8 to anyone who is in attendance tonight who would
9 like to provide an oral comment. Again, you can
10 raise your hand or you can -- if you're a call-in
11 only user, you can press *9 to raise your hand and
12 I'll ask you to unmute. Would anyone like to
13 provide an oral comment this evening? Okay.

14 Robert Kendall, I see your hand is raised. I'm
15 going to ask you to unmute.

16 MR. KENDALL: Hi. Good evening. My name
17 is Robert Kendall. I'm currently a resident in
18 the Huntsville area. I live right next to the
19 airport. I would like to give my comments not to
20 support the approval of this license. The
21 Huntsville area is growing. The housing is, for
22 lack of conversation, out of control. There does

1 not seem to be any stopping it. The housing is
2 going to surround this airport over time and is
3 going to open up opportunities for more damage
4 from not only the sonic booms, but from our
5 current air flights to the elderly and our retired
6 military.

7 The second point is our wildlife.
8 Wildlife studies do not accurately test for proper
9 side effects to sonic booms. But the toxic
10 propellants are an obvious problem. If anything
11 were to go wrong with this vehicle in reentry,
12 it's breaking up or landing in any area would
13 cause irreparable damage to the wildlife.

14 My third comment is on sonic boom damage.
15 Studies have been conducted on sonic booms, and
16 the damage that they found has limited the use of
17 such aircraft such as the France Airways aircraft,
18 and now the new aircrafts that are being created
19 are being limited to specific cities and runways
20 where their damage can be minimized. Currently,
21 General Electric is working on aircraft that has a
22 lower sonic boom and its sole reason for design is

1 because of the known damage that sonic booms can
2 cause.

3 Lastly, in Huntsville we -- we build
4 rockets. We have a NASA engineering type of
5 community, and we love what we do. But we do not
6 launch the rockets from here, nor do we land them
7 here. There's reasons for that. There's reasons
8 why we do this in Texas and in Florida, and most
9 aircraft used to land in the ocean. I implore the
10 employees of the FAA and the companies to look at
11 the many numerous remote areas that are available
12 throughout the United States and its surrounding
13 territories. There's other places that this can
14 be done that are safer to humans, our structure,
15 our wildlife, and our peace of mind. Thank you.
16 That ends my comments.

17 MS. PIGGOTT: Thank you for your
18 comments.

19 Again, ladies and gentlemen, we have
20 plenty of time. So, if you'd like to provide an
21 oral comment this evening, please raise your hand
22 by using the raise hand feature in Zoom if you've

1 not already provided an oral comment and would
2 like to provide one tonight. For our call-in only
3 users, please press *9 if you'd like to provide an
4 oral comment. Would anyone else like to make an
5 oral comment this evening? Again, just use the
6 raise hand feature or you can send a message to me
7 using the chat letting me know that you want to be
8 unmuted, or if you're a call-in only user, you can
9 press *9.

10 Okay folks, seeing none, thank you for
11 participating in this virtual public meeting. All
12 comments, whether submitted orally,
13 electronically, or in writing through the US Mail
14 will receive equal consideration. Please submit
15 your comments electronically via the project email
16 at huntsvillereentry@icf.com or you can mail
17 comments to Miss Stacy Zee, HSV Draft EA, care of
18 ICF, 9300 Lee Highway, Fairfax, Virginia 22031.
19 I'll put that E-mail address again in the chat
20 feed for everybody so that you have it. Before
21 including your address, phone number, E-mail
22 address, or other personal identifying information

1 in your comment, please be advised that your
2 entire comment, including your personal
3 identifying information, may be publicly available
4 at any time. To ensure the FAA has sufficient
5 time to consider public input, comments must be
6 submitted by December 22, 2021.

7 Again, ladies and gentlemen, thank you
8 for your interest and your participation this
9 evening. This meeting is adjourned.

10 [Whereupon the virtual public meeting was
11 concluded.]

12 [Off the record at 6:45 p.m.]

13

14

15

16

17

18

19

20

21

22

1

2

CERTIFICATE OF REPORTER

3

4 I, GARY EUELL, do hereby certify that the
5 foregoing proceeding was attended by me and
6 thereafter transcribed from my digital audio
7 recording of the proceeding and thereafter was
8 reduced to typewriting by me.

9

10 I further certify that I am not related to any
11 of the parties in this matter, and this transcript
12 is a true and accurate record of said audio
13 recording to the best of my ability. The above
14 information has been transcribed by me with a
15 pledge of confidence, and I do hereby certify that
16 I will not discuss or release the content, or any
17 information contained herein.

18

19

20



21

GARY EUELL, Court Reporter

22